

1 UNITED STATES OF AMERICA

2 - - -

3 NATIONAL AERONAUTICS AND SPACE ADMINISTRATION

4 - - -

5 NEWS CONFERENCE ON

6 VOYAGER 2-JUPITER ENCOUNTER

7 (NASA-TM-80854) NEWS CONFERENCE ON  
8 VOYAGER-2-JUPITER ENCOUNTER (National  
Aeronautics and Space Administration) 53 p  
CSCL 03B


N80-15008

Unclas  
00/91 44072

9 FOOTINGS ROOM  
10 SHERATON PARK HOTEL  
WASHINGTON, D. C.

11 - - -

12 WEDNESDAY, MAY 30, 1979



14 APPEARANCES:

- 15 JOE MC ROBERTS NASA Headquarters
- 16 RODNEY A. MILLS Program Manager, NASA Hq.
- 17 DR. EDWARD STONE Project Scientist  
18 California Institute of  
Technology
- 19 DR. LAURENCE SODERBLOM Imaging Team Deputy Team  
20 Leader  
U. S. Geological Survey
- 21 DR. NORMAN NESS Magnetic Fields  
22 Goddard Space Flight Center
- 23 DR. JOHN C. PEARL Infrared Spectroscopy and  
Radiometry, Goddard
- 24 DR. FREDERICK L. SCARF Plasma Wave Science  
25 TRW Systems

I N D E X

STATEMENT OF:

PAGE NO.

Rodney Mills	3
John C. Pearl	5
Laurence Soderblom	11
Frederick L. Scarf	17
Norman Ness	22
Edward Stone	33

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

P R O C E E D I N G S

(10:30 a.m.)

1  
2  
3 MR. MC ROBERTS: Good morning. I'm Joe McRoberts,  
4 from NASA headquarters.

5 John Kley is passing around a little tablet there.  
6 Jot your names down and we will give you a copy of the tran-  
7 script. Of course, if you don't need the transcript, why,  
8 whatever.

9 Transcripts will be available in about a week. We  
10 have pictures. Les Gaver, of course, has pictures. Bob  
11 McMillan, from JPL, is here and also has pictures. He also  
12 has background information and so forth.

13 John Kley is here from Goddard, and he can help you  
14 on any of the Goddard people or anything you want to know  
15 about that.

16 The news conference is being piped out to JPL, and  
17 we will start off with Rod Mills, the Program Manager at NASA  
18 Headquarters but, first, I want to just introduce Dr. Milton  
19 Mitz, program scientists, who is here in the audience.

20 All right, Rod, would you step up, please?

21 STATEMENT OF RODNEY MILLS  
22 PROGRAM MANAGER  
23 NASA HEADQUARTERS

24 MR. MILLS: Okay. Before we get to the science re-  
25 sults, I just want to make a brief report on the mission status.  
It has been a couple of months since most of you have heard

1 about it.

2 Voyager 1 is continuing on its way to Saturn, in  
3 good condition. As of noon today, it is 84½ million kilometers  
4 past Jupiter, and it's got about 725 million kilometers to go  
5 to Saturn.

6 Voyager 2, as of noon today, is 31.4 million kilomet-  
7 ers from Jupiter, headed inward and, for reference, it is about  
8 842 million kilometers from earth at this time.

9 Since we last spoke to most of you, there have been  
10 a couple of spacecraft events I want to discuss. First, Voyager  
11 1 performed its large trajectory correction maneuver on April  
12 9. That was about a 7.3 hour burn of the thrusters that im-  
13 parted a delta-V of something like 64 meters per second; used  
14 up about 30 kilograms of our propellant and, at this time, we  
15 have left about 55 kilograms of propellant.

16 We anticipate that we can track Voyager 1 far out  
17 beyond Saturn, probably out maybe 30 AU or more.

18 Voyager 2 last Friday performed a minor trajectory  
19 correction maneuver to improve the aiming at Jupiter. That  
20 was just a small, about a 1½ meter per second adjustment in  
21 the velocity. It is now on a good trajectory for Jupiter  
22 which, of course, it will reach on July 9.

23 Voyager 2 has been in the encounter period since  
24 April 24. It has been in the observatory phase observing  
25 Jupiter around the clock.

1 For the last few days, the spacecraft has been in-  
2 volved in obtaining a five-rotation movie of Jupiter. Now,  
3 yesterday we started the far Encounter 1 observations.

4 Everything is going well with the spacecraft. If  
5 you will remember, it is the one that has radio problems --  
6 that is, it's primary radio failed quite sometime ago, and  
7 its secondary radio, which we are using to command it, has a  
8 a shorted capacitor which somewhat limits the frequency tracking  
9 capability. But we have had no recent problems in commanding,  
10 and everything looks like "go" for the encounter.

11 I think that's all I have to say, so onward with the  
12 science report.

13 MR. MC ROBERTS: Okay. Our first science report  
14 will be from John Pearl on Infrared Spectroscopy and Radiometry,  
15 from Goddard Space Flight Center.

16 STATEMENT OF JOHN C. PEARL  
17 INFRARED SPECTROSCOPY AND RADIOMETRY  
18 GODDARD SPACE FLIGHT CENTER

18 MR. PEARL: Thank you, and good morning.

19 Our instrument has two parts; one is a radiometer  
20 channel which integrates over most of the solar spectrum, from  
21 about .3 of a micron out to about 2 microns, and the other is  
22 an infrared spectrometer.

23 As you are probably aware, spectrometers split up  
24 the energy into its various wavelength components, such as you  
25 see a prism or a raindrop with solar radiation breaking it into

1 its spectrum of colors.

2 Our instrument does the same thing with the infra-  
3 red, essentially, breaking the heat radiation up into its  
4 what you might call "infrared colors".

5 The results I would like to discuss today are results  
6 from the spectrometer.

7 Amalthea is the innermost moon of Jupiter. Its  
8 diameter, if you take an average diameter, it is about a 20th  
9 or a little more of the diameter of the earth's moon. On the  
10 flyby of Jupiter, we got a glimpse of it when the spacecraft  
11 was about the same distance from it as the earth is from the  
12 earth's moon.

13 At that time, the satellite only filled about 1 per-  
14 cent of our field of view, and the data that we got were some-  
15 what noisy. The first slide shows the spectrum that we got.  
16 As I said, the data were noisy. We plotted the intensity, as  
17 a function of the, call it the "infrared color" defined by  
18 wave number.

19 For those of you who like to think in terms of wave-  
20 lengths, the wave number is the reciprocal of the wavelength.  
21 200 wave numbers is 50 micrometers, 400 is 25, 1,000 is 10  
22 micrometers.

23 The solid curves you see superimposed on the data  
24 represent the spectrum that we would see if the object we were  
25 looking at had the temperatures indicated.

1 As you can see, even though the data are noisy, it  
2 is evident that a fit of something around 180 kelvin for the  
3 temperature of Amalthea fits the data very well. And devia-  
4 tions of 10 degrees from that are clearly unacceptable.

5 This is significant because the temperature of Amal-  
6 thea, if it were only heated by the sun, could not exceed 170  
7 kelvin. Consequently, there is increment in energy to take it  
8 from 170 to 180K, which comes from something other than the  
9 sun.

10 Radiation from Jupiter alone will not do it. The  
11 source of this additional energy is now believed to be impact  
12 by very high energy particles in the Jovian radiation belt.  
13 A minor contribution might also be made by electrical currents  
14 flowing through the satellite, due to the fact that it is moving  
15 through the magnetic field around Jupiter.

16 If I may have the next slide. We were fortunate, in  
17 the observations of Io, to see several anomalously warm places.  
18 You can see two of them on this figure, one corresponds to  
19 the area in the upper right, the dark area above the brighter  
20 region, and the other area corresponds to the dark, annular  
21 area just above center on the left.

22 Schematically, our observation of that feature is  
23 represented, as shown here. It contains some dark areas which  
24 are believed to be warmer than the surrounding area. This  
25 includes that annular, doughnut-shaped region and that elongated,

1 dark region above it.

2 It is known from other images that a plume of gas  
3 and dust is evolving from one end of the linear feature.

4 Now, if we consider the fact that the dark areas  
5 are a different temperature from the light background, then  
6 we can make a fit to the data just by assuming that the dark  
7 areas are at one temperature and the light areas at another  
8 temperature and, if we do that, we get a set of curves that  
9 looks like this.

10 The dark curve represents the intensity as a function  
11 of wave number that we measure, the heavy dark curve, and the  
12 two dotted and dashed curves represent components from two  
13 different temperatures.

14 We assume that if 9 percent of the field is at 280  
15 kelvin, then the contribution to the data from an object like  
16 that would give you the short, dashed curve. That leaves the  
17 remaining 91 percent at some other temperature.

18 If we take 125 kelvin for that temperature, then  
19 we get the longer, dashed curve and, if we add them together,  
20 we get the thin, solid curve, which fits the data reasonably  
21 well. Considering the fact that the model is so simple, it  
22 really does very well.

23 We vary the parameters a little bit, try to take  
24 different temperatures and so on, and we find that, on the  
25 whole, the dark areas, or large fractions of them, must be



1 somewhere between 280 kelvin and 300 kelvin, and the background  
2 should be between 125 and 130 kelvin, and that isn't too far  
3 from what one would expect for the background temperature if  
4 it were just heated by the sun.

5           The 9 percent, actually, is derived from the fit. We  
6 make a three-parameter fit; one is the fraction of the area  
7 of the hot temperature, and the other is the remainder. And  
8 the 9 percent corresponds quite well, actually, to the dark  
9 regions in the field of view.

10           So, again, it's confirmatory, since it is an inde-  
11 pendent evaluation parameter. If we use slightly higher tem-  
12 peratures, why, then, that 9 percent figure drops down to  
13 something closer to 6. But, again, it is still consistent  
14 with the quality of the fit to those areas being roughly at  
15 those temperatures.

16           If we try to force the hot area to be the temperature  
17 of molten sulfur, since people are interested in whether  
18 molten sulfur might exist, the fit gets very poor. We cannot  
19 have more than about 1 percent of our field filled by molten  
20 sulfur.

21           QUESTION: What is that temperature?

22           MR. PEARL: About 385 kelvin.

23           Now, getting to the plume, the material in the plume  
24 will partially obscure the surface. If there is any atmosphere  
25 on Io, this would do the same thing.

NEAL R. GROSS  
COURT REPORTERS AND TRANSCRIBERS  
1330 VERMONT AVENUE, NW  
WASHINGTON, D.C. 20005

1           The characteristic of the material, or materials,  
2 which might be present in the atmosphere, or the plume, will,  
3 in fact, make the obscuration different at different wavelengths  
4 or wave numbers.

5           And if we look at our spectrum, we find an area  
6 which has a very noticeable absorption feature shown on the  
7 top part of this figure, where we have plotted the intensity,  
8 again, as a function of wave number, and the deep feature there  
9 we have identified as being due to the sulfur dioxide gas.

10           This would be evolving from the volcano. It is  
11 present in the volcanic gases on the earth, and it is not at  
12 all unexpected on a planet like Io which has as much sulfur  
13 in it as is believed to be the case.

14           Below it, we have calculated sulfur dioxide gas  
15 transmission spectrum and, beneath that, an SO<sub>2</sub> ice trans-  
16 mission spectrum. It is clear from this that the feature we  
17 see <sup>is</sup> coming from gas rather than from the solid -- that is,  
18 we are not seeing snowflakes or crystalline material which is  
19 thrown up, but we are seeing the gas which is evolving from  
20 the volcano, or evaporating from the surface.

21           The amount of SO<sub>2</sub> is very low. It's less than a  
22 millionth of the earth's atmosphere. We have looked for other  
23 materials which are found in terrestrial volcanos, particularly  
24 water, vapor and carbon dioxide, which are very common compon-  
25 ents and, if they are present, they are present in very, very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1330 VERMONT AVENUE, NW

1 low quantities.

2 And this would imply a lack of hydrogen and carbon  
3 in Io, which would be considered consistent with the hypothesis  
4 that Io has been volcanically very active throughout its  
5 history.

6 Thank you.

7 MR. MC ROBERTS: Our next speaker will be Dr. Laurence  
8 Soderblom, Imaging Team Deputy Team Leader, U. S. Geological  
9 Survey.

10 STATEMENT OF DR. LAURENCE SODERBLOM  
11 IMAGING TEAM DEPUTY TEAM LEADER  
12 U.S. GEOLOGICAL SURVEY

13 DR. SODERBLOM: Could I have the next slide, please?

14 I will summarize the results that we have gotten  
15 to the last month of analysis or so, to summarize for you with  
16 respect to the large Galilean satellites -- Europa, Ganymede  
17 and Callisto.

18 Ganymede and Callisto, the outer two Galilean satel-  
19 lites, are both about the size of the planet Mercury. Their  
20 revised densities now are, Ganymede, 1.93 and Callisto, 1.79.  
21 Callisto has been brought up in density, as its diameter was  
22 refined in Voyager images.

23 So, the two have densities very close to 2, and  
24 this confirms that a substantial fraction of their interior  
25 is water.

26 Europa's density is close to 3.0. It had been

1 oscillating between 3.0 and 3.2, suggesting that a substantial  
2 fraction of the upper crust of Europa is probably or water-ice,  
3 as was thought from earth base.

4           Going on to the next, Amalthea, the innermost of  
5 the Galilean satellites, is shown here in three views. The  
6 bright spot Jonathan Eberhardt asked me to mention is not a  
7 searchlight on Amalthea, it is an exaggeration due to the  
8 processing.

9           The body actually has an albedo between 4 and 6  
10 percent. It is very red. The bright spot has an albedo  
11 close to 15 percent, so it's a fairly dark material, and the  
12 bright spots are actually gray spots. They are essentially  
13 colorless relative to the rest of the body. The rest of the  
14 body is very uniform in color.

15           The size of Amalthea is roughly 250 by 125 or so  
16 kilometers. It is elongated with long axis pointed toward  
17 Jupiter, as it rotates synchronously about the primary.

18           You can see, portrayed here are the three views.  
19 Each of the views corresponds to one of the little cartoons.  
20 You can see that the lower left shows the leading hemisphere  
21 of Amalthea, and the upper right, the trailing. The lower  
22 right is an edge-on view.

23           You can see, I think, these two spots over here cor-  
24 respond to these two points here. This is a summary of some  
25 of the volcanic observations. Shown here are sets for two of

1 the centers, two types. The upper one erupts from a very  
2 symmetrical vent area shown in "a" there. "b" shows the view  
3 from about a 45 degree viewing angle, and shows the material  
4 erupting from that plume is dark material. In other words,  
5 the albedo of the material as it is coming out is dark.

6 We suspect now that the difference between "a" and  
7 "b" is not purely an optical effect, that it represents some  
8 time variability in the eruption over a period of hours to  
9 days.

10 The lower one is one John Pearl just talked about.  
11 You can see that it has a very diffused, irregular character.  
12 The nature of the plume probably is controlled by constriction  
13 of the nature of the vent or throat in the vent area.

14 The volcanos are distributed widely through the  
15 equatorial belt, and they are associated, the symmetrical ones,  
16 with these rings you see here, and there are two of them. The  
17 regular ones -- this is the first one discovered, the big  
18 heart-shaped plume. The regular ones -- here, again, is the  
19 one that John Pearl talked about here. Here's another one  
20 up here, about 20 north and about 30 north.

21 All of the plumes seem, so far, up here to be within  
22 about 30 degrees of the equator, which is peculiar, since the  
23 tidal heating model of Peale all suggests that most of the energy  
24 is deposited in four regions, according to the verbal report  
25 from them.

1           So, something may be going on in the polar regions,  
2 which is different from the equatorial regions, and that may  
3 be different rates of resurfacing or deposit of material.

4           The analysis of the absence of craters, if that is  
5 allowable, suggests that if the Jovian system is getting im-  
6 pact rates at the rates which we project, knowing what the  
7 impact rates are on the moon, the rates could be higher, but  
8 not substantially lower than the model predictions, suggests  
9 that one crater about a kilometer in diameter would be formed  
10 every 50,000 years or so, on a body this size.

11           None has been seen. That suggests that a rate of  
12 burial of at least a millimeter a year, planetwide, is required  
13 to erase these. That is, in fact, consistent with estimates  
14 the Imaging Team has made in terms of the amount of material  
15 that is coming out of the vents.

16           So, averaging 15-some vents over the surface, that  
17 is consistent with the absence of the craters.

18           The features that I want to refer to now are faintly  
19 visible down here. You can see them as little wisps of bluish  
20 material. If we could get the light up sometime, perhaps in  
21 another session, you would be able to see them a little better.

22           They are actually scattered throughout the south  
23 polar region. This is an enlargement of that section. There  
24 are three of them here, a collection of them here. Wherever  
25 you see this bluish appearance, the image looks as if it is

1 out of focus, as if it is diffused. Throughout this region  
2 down here, you will see this, again, bluish cast down here as  
3 well, and it has the character of a very fuzzy appearance.

4 QUESTION: How long did you expose it?

5 DR. SODERBLOM: This exposure? I would guess about  
6 100 milliseconds. It's actually made up of three different  
7 colors, so there is a combination of exposures. But to the  
8 question, is it smeared, the answer is "no". If you look at  
9 edges of other features in the image, in particular, things  
10 such as this, they are well defined and so forth.

11 So, it is a fuzzy character, and we suspected that  
12 these things might have been airborne. Now, this is a high  
13 resolution image near the terminator, and this is what they  
14 appear to be near the terminator. They are bluish. They tend  
15 to form along faults or fractures in the crust, and appear to  
16 be something issuing from the crust.

17 This is a comparison of two images acquired about  
18 six hours apart. The one on the left is not out of focus. It  
19 is a section of that global view I just showed you. It shows  
20 a ring of three colored areas here, here and here, which have  
21 dark material, dark pools in the floor of still questionable  
22 material, but the one on the right was taken just prior to  
23 near encounter.

24 The bluish glow along the edge of the top vent has  
25 developed in a period of about six hours. It is similar, in

1 appearance and in spectral character, to the bluish areas I  
2 was showing you just on the previous slide.

3 And the suggestion here is that these are, in fact,  
4 eruptions of probably gas and, with the IRIS indication of SO<sub>2</sub>,  
5 SO<sub>2</sub> is a good possibility. SO<sub>2</sub> would, in issuing in a dense  
6 cloud from these fractures and so forth, begin to condense  
7 and snow-out of the atmosphere very rapidly. And since its  
8 partial pressure at that temperature is very low, then this  
9 freezing gas would form very fine particles which scatters  
10 light very much like gas. In other words, it would scatter  
11 preferentially in the blue.

12 These areas of bluish glow are brighter than the  
13 surface at all these places as well, and so the component,  
14 which would be coarser snow particles, could be explaining the  
15 brightness at all wavelengths.

16 QUESTION: Is that real color contrast to the eye?

17 DR. SODERBLOM: You could see it, definitely.

18 Whether or not the colors would be identically this, or the  
19 turquoise would be a little greener or a little bluer --

20 QUESTION: This extreme is really what I'm asking.

21 DR. SODERBLOM: It would be this extreme. As a  
22 matter of fact, we looked at this, and the violet brightness  
23 in that area is 15 times higher in the later image than in the  
24 earlier image. So, it is that extreme. It is brighter than  
25 the surface, and also we confirmed that it did brighten up in



1 the blue as well as the violet, but not as much, but that  
2 actually happened at two wavelengths, so it was not an artifact  
3 of one part of the image going to saturation or some strange  
4 effect like that.

5 Okay. That's all I have. Thank you.

6 MR. MC ROBERTS: The next speaker will be Dr.  
7 Frederick L. Scarf, Plasma Wave Science, TRW Systems.

8 STATEMENT OF DR. FREDERICK L. SCARF  
9 PLASMA WAVE SCIENCE  
10 TRW SYSTEMS

11 DR. SCARF: I would like to talk about lightning  
12 at Jupiter today. I would like to start out with the first  
13 slide that is actually from the Imaging Team.

14 When we were leaving JPL, we had a release of a  
15 picture taken when the spacecraft was looking at the dark  
16 planet. There were glows that were identified as lightning  
17 by members of the Imaging Team, and there were other displays  
18 that appeared to be connected with the aurora.

19 This is another version of that picture in which the  
20 auroral part doesn't appear, but you can see the correct place-  
21 ment of the frame on the planet, on the dark side of the planet,  
22 and you can see the bright glows that have been identified as  
23 lightning.

24 Now, a wave experiment in orbit around a planet like  
25 Jupiter has, naturally, a possibility of detecting radio  
signals from lightning, and I would like to go on to the next

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1330 VERMONT AVENUE, NW

WASHINGTON, D.C. 20005

1 slide and describe the way we tried to search for this.

2 Here we have Jupiter, obviously, with the red spot,  
3 and the Io torus. This is where we were when we were doing  
4 these things. There is a lightning bolt in the atmosphere  
5 that is, in fact, a very long antenna for transmission or  
6 excitation of radio waves.

7 A lightning bolt has an extent of several kilometers,  
8 and it makes, very efficiently, low frequency radio waves that  
9 travel off and are detectable out in space, or out in the  
10 magnetized plasma.

11 We have tried to indicate here a very significant  
12 aspect of this detection, and that is the medium, the plasma  
13 above the atmosphere, actually has the characteristic so that  
14 the high frequency waves go more easily. They go faster out  
15 to the spacecraft than the low frequency waves, come more  
16 slowly and arrive less.

17 So, if we are really looking, searching, for  
18 whistlers, we should listen for a signal that has high fre-  
19 quency components arriving, and then, finally, the low fre-  
20 quency ones arrive. And the name "whistler" then comes from  
21 this shape.

22 Now, soon after the press activities on Voyager 1  
23 were over, we started to get high rate data -- we need our  
24 waveform or audio data to search for this -- and we found a  
25 number of these. And my colleague, Don Gurnett, had a press

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1330 VERMONT AVENUE, NW

WASHINGTON, D.C. 20005

1 release just describing the detection of these whistlers. But  
2 there is so much other noise out there in the magnetosphere  
3 that we had no capability of playing these for you at that  
4 time and, since then, we've had a little more data coming in,  
5 high rate data, and I thought I would talk about a better  
6 example, and let you hear it, too, today.

7           The next slide shows the kind of voice print that  
8 we use to display what is coming in on the high rate data.  
9 The frequency goes up and the time goes along, and each segment  
10 that we get is 48 seconds long.

11           And these are two lightning whistlers detected when  
12 we were in the Io torus at about 6 Jupiter radii. They came in  
13 fairly late to our laboratory, so we weren't able to talk about  
14 these earlier.

15           The sounds that are associated with this are signals  
16 that fall with frequency. It is a very characteristic indi-  
17 cator of lightning generation. Now, you see in the bottom  
18 of this frequency time diagram, there is a lot of blackness.

19           This is a hiss that is present in the magnetosphere  
20 of Jupiter, and I will come back to explain the significance  
21 of this in just a moment, but let me play a little bit of  
22 this audiotape starting a few seconds before the first whistler.  
23 You will hear the hiss, then the first whistler; the second  
24 one that comes about 8 seconds later is a little harder to hear,  
25 and then I have recorded on this a repeat of the whole thing.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1330 VERMONT AVENUE, NW

WASHINGTON, D.C. 20005

1           If this doesn't work too well, I have a louder ver-  
2 sion in my pocket. So, let's start with this.

3           (Whereupon, an audiotape was played.)

4           Well, so much for the sound. I hope that was  
5 adequate.

6           We detected, in the early part of our discussions,  
7 about 40 of these. And Don Gurnett discussed that in the  
8 press release, and he will be talking about the analysis  
9 tomorrow, connected with this. And I think now we have many  
10 more, almost twice as many at this point, as the high rate  
11 data keep coming in.

12           The lightning and the whistlers are very important  
13 for a number of reasons. First of all, the question of lightn-  
14 ing on Jupiter, in the atmosphere, is significant; significant  
15 in terms of the chemistry that can go on there.

16           There are many reactions that are modified strongly  
17 by the presence of lightning and there was an extensive  
18 literature before we got there, speculating on the importance  
19 of lightning on Jupiter, based on the fact that certain ele-  
20 ments -- I'm sorry -- certain compounds were detected in  
21 abundances that didn't appear to be natural.

22           The other important aspect of detecting lightning  
23 such as this, is that the lightning travels along the magnetic  
24 field lines that are not accessible for Voyager. Voyager  
25 stayed near the equator. These signals come at high latitudes

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1330 VERMONT AVENUE, NW

WASHINGTON, D.C. 20005

1 along the field lines and, by analyzing the properties of these  
2 signals, we can actually deduce the density of the plasma up  
3 at high latitudes, all the way down to the atmosphere. And  
4 this is not an insignificant thing because, from where we were  
5 in the Io torus down to the atmosphere, the distance along that  
6 field line is a solar radius. It's a long way to go for the  
7 signal that you have just heard.

8           The final reason that I want to talk about concerning  
9 the importance of whistlers is indicated on the next slide.

10 Can I have the last slide?

11           These radio signals have frequencies that happen  
12 to match up with frequencies of electrons spiraling around  
13 the field lines, trapped electrons in the high energy radia-  
14 tion belts of Jupiter.

15           And when people first started to worry about whistler  
16 noise, such as this, in the earth's magnetosphere, then it  
17 was recognized that these signals could do very severe things  
18 to the trapped electrons.

19           What we have tried to suggest here is that, in a  
20 situation in which there is no such noise, plasma wave, the  
21 electron would just make its spiral and go back and forth.  
22 But if it interacts with a wave of this type, such as the situa-  
23 tion in the blue plasma torus region, it can get a kick, as if  
24 someone was swinging and you hit them with the right frequency.  
25 You can get a kick and go in another direction and, in fact,

1 no longer spiral along the field lines, and go down into the  
2 atmosphere in which it produces auroral type displays, extra  
3 ionization and even heating.

4 Now, in the earth, whistlers such as this are de-  
5 tected, but there are not enough of them to do very much to  
6 the trapped Van Allen belts. At Jupiter, we have detected a  
7 number, and we can make the same statement. There are not  
8 enough whistlers to do much here.

9 But that other noise that you heard on the tape,  
10 the hiss, is, in fact, the same kind of radiation -- it is  
11 spontaneously generated inside the magnetosphere -- and it  
12 does do a lot of this ejection of electrons down to the atmo-  
13 sphere. In fact, the amount of energy that comes into the  
14 upper atmosphere, from this mechanism, is an order of magnitude  
15 more than sunlight.

16 That's all I have.

17 MR. MC ROBERTS: Our next speaker will be Dr. Norman  
18 Ness, Magnetic Fields, from Goddard.

19 STATEMENT OF DR. NORMAN NESS  
20 MAGNETIC FIELDS  
21 GODDARD SPACE FLIGHT CENTER

22 DR. NESS: I don't know if you can read this first  
23 Vu-graph, but it represents the players on the Magnetometer  
24 Team. It's been a team effort, as are all of the individual  
25 experiments on the spacecraft.

There are copies of the handout, which have this as

NEAL R. GROSS  
COURT REPORTERS AND TRANSCRIBERS  
1330 VERMONT AVENUE, NW  
WASHINGTON, D.C. 20005

1 the top page, which include all of the figures which I will  
2 be using. There are also copies of our science paper available  
3 in the back.

4 I'm going to start off by putting up my summary first.  
5 The reason I want to do that is, there are times when people  
6 have some difficulty appreciating the significance of the re-  
7 sults in the more exotic realm of the plasma environment of  
8 Jupiter.

9 Two principal new results I want to report on have  
10 to do with the configuration of the outer magnetosphere of  
11 Jupiter. Those are listed in the summary as Items 2, 3 and 4.  
12 Following Pioneer 10 and 11 observations, it was interpreted  
13 that the magnetosphere of Jupiter was somewhat unlike earth,  
14 and it was like a squashed down magnetosphere of earth, a  
15 magnetodisc it is called -- rigid or floppy.

16 A great theoretical effort was expended upon attempts  
17 to utilize the data to validate one or the other of these two  
18 models. These are both axisymmetric, no local time  
19 dependence.

20 What we find, in fact, in the Voyager 1 observations,  
21 is that the outer magnetosphere of Jupiter is not represented  
22 at all well by either of these models. And, in fact, it  
23 appears that Jupiter possesses a very large magnetic tail much  
24 like earth, although the inner part of the magnetosphere is  
25 significantly different.

1           This is an enormous magnetic tail, 3- or 400 Jovian  
2 radii in diameter. The implication of the magnetic tail is  
3 important for auroral phenomenon and radio emissions from the  
4 planet, because the existence of the large magnetic tail im-  
5 plies a very eccentric polar cap auroral region and, by  
6 "eccentric", I mean that it is not coaxial either with the  
7 rotational axis of the planet or the magnetic axis of the  
8 planet, quite unlike in the case of the earth, in which the  
9 auroral zone is roughly, but because of the solar distortion,  
10 not quite symmetrical about the magnetic axis of the earth.  
11 That is Item 1, the outer magnetosphere configuration, the  
12 existence of the magnetic tail of the planet.

13           The second item has to do with Item 6, our inter-  
14 pretation of the perturbations of the magnetic field in the  
15 vicinity of Io, associated with the Io flux tube. This is  
16 not an exotic process. This is well known to us. I would use  
17 the analogy that this is a great big power station in the  
18 sky, much like a hydroelectric power station, but instead of  
19 hot water providing the power and the generators, what we have  
20 is Io as the conductor, and the power comes from the magnetic  
21 field of the planet Jupiter, which is swept past Io at a very  
22 rapid rate.

23           It generates a very large current. In fact, the  
24 current may be sufficiently large that ordinary resistive  
25 losses, Joule heating, may be an important factor in the thermal



1 evolution and the present status of Io and its atmosphere.

2 That is my summary.

3 I would like to lead you briefly, quickly, through  
4 the various figures which discuss this; then put the summary  
5 slide back up and once, again, hit you with those two major  
6 points, the magnetic tail and the power station.

7 I thought it would be appropriate to show a nicely  
8 done conception of the earth's magnetosphere, to give you some  
9 idea of the contrasting ideas that existed prior to Voyager 1  
10 with respect to the Jovian magnetosphere.

11 In this diagram, the yellow indicates the flow of  
12 solar wind from the sun; the blue region, looking like a comet  
13 tail trailing behind the earth, represents the distorted  
14 earth's magnetic field and magnetosphere.

15 Imbedded within the magnetosphere are the radiation  
16 belts and many other phenomena related to geospace. Now, in  
17 the case of Jupiter, about ten years ago it was thought that  
18 because of the very rapid rotation and the massive gravitational  
19 field that the magnetosphere of Jupiter would be drastically  
20 different than this configuration, which is highly local time  
21 dependent.

22 The day side is where the subsolar point is com-  
23 pressed, on the night side the magnetic tail is extended far  
24 beyond the orbit of the moon.

25 This diagram taken from a work by Piddington shows

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1330 VERMONT AVENUE, NW

WASHINGTON D.C. 20005

1 the configuration now looking down on the equatorial plane,  
2 from the north polar region, indicating that it was thought  
3 that the magnetic tail of Jupiter, instead of extending behind  
4 Jupiter, which would be downward in this particular figure,  
5 would, in fact, be wrapped around the planet.

6 That concept about the importance of the rapid  
7 rotation, the massive gravitational and magnetic field would  
8 lead to a significantly different configuration for the  
9 magnetosphere stayed with us through much of the recent times  
10 following the interpretation of Pioneer data.

11 This view in the noon-midnight meridian plane shows  
12 a configuration of the confined magnetosphere of Jupiter, but  
13 inside you can see the distortion of the magnetic field in  
14 which, in this diagram, it shows the floppy magnetodisc in  
15 which there is a curved equatorial region.

16 The rigid magnetodisc would simply extend the field  
17 lines in a symmetrical fashion relative to the magnetic axis.

18 Well, what we have found from the observations on  
19 Voyager, retrospectively reviewing the observations of Pioneer  
20 10 and 11, are that, in fact, it appears that there is a very  
21 large magnetic tail outside this distorted magnetosphere region.

22 That current sheet, which is close to the planet,  
23 and the distortion of the field lines in the equatorial region  
24 as shown, merges with a neutral sheet region on the night side  
25 -- that is, in the tailward region -- and, as the planet

1 rotates, because of the tilt of the dipole axis by about 9.6  
2 degrees relative to the rotational axis, this current sheet  
3 wobbles for the period of ten hours, the rotational period of  
4 Jupiter, and that the multiple observations of the current  
5 sheet, both by the Pioneers and by Voyager, and the topology  
6 of the magnetic field as observed by these spacecraft, especial-  
7 ly on the night side, can be best explained by the existence  
8 of this large magnetic tail.

9           Now, the implication of that large magnetic tail is  
10 shown in this diagram in which we have now traced the field  
11 lines, which would be located in the magnetic field, down to  
12 the surface of the planet.

13           On the left-hand side, we have shown the northern  
14 region, and the auroral zone is delineated by those field  
15 lines which represent the boundary between tailward field  
16 lines and magnetic field lines which, essentially, corotate  
17 with the planet.

18           The colatitudes are indicated 10-20-30 degrees. You  
19 can see that the auroral zone in the northern region is quite  
20 offset from being coaxial with either the rotational axis of  
21 the planet, which is the origin of the coordinate system, or  
22 even the magnetic dipole axis, which is the cross with the  
23 circle around it.

24           This is in distinct contrast to the southern polar  
25 region, which is much more like the earth, in which the auroral

1 zone extends around both the magnetic axis and the rotation  
2 axis.

3           The implication of this high eccentricity of the  
4 polar region for the magnetosphere of Jupiter is that the  
5 radio emissions from this region will be much like a search-  
6 light beaming into space for the period of ten hours, period-  
7 ically immersing either spacecraft or the earth in its beam  
8 pattern.

9           Depending upon the strength and the frequency and  
10 the location of the radio sources in the auroral regions, it  
11 is also possible that they will be seen at periods of twice  
12 the rotation frequency -- that would be approximately every  
13 five hours.

14           The magnetic field geometry of Jupiter is very com-  
15 plex. The effect of the eccentric polar cap, the auroral  
16 zone will have to be studied further with more quantitative  
17 modeling.

18           An important feature of this particular magnetic  
19 tail model is that we predict that aurora will be seen as  
20 low, as you can see here, 30 degrees colatitude which is 60  
21 degrees latitude -- it's a very low latitude region and, in  
22 fact, corresponds, I believe, to the lowest latitude at which  
23 aurora happened to be reported in the imaging experiment on  
24 Voyager 1.

25           Obviously, additional analysis of the experimental

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1330 VERMONT AVENUE, NW

WASHINGTON, D.C. 20005

1 observations of auroral phenomena by the spacecraft Voyager 1  
2 and 2 will confirm, hopefully, and lend support to this par-  
3 ticular magnetic tail field model of the Jovian magnetosphere.

4 Let me now turn to the interaction of Io with the  
5 magnetosphere of Jupiter. The flux tube of Io is that region  
6 of space in the Jovian magnetosphere which is magnetically  
7 connected to Io and the surface of the planet.

8 The theoretical prediction of this strong interaction,  
9 electrodynamically, between Io and its magnetosphere, was done  
10 more than a decade ago by Piddington and Drake and by Gold-  
11 reich and Peale and, subsequently, followed up by a number of  
12 other authors, including the original authors themselves. And  
13 the induced current pattern is shown here, in red and blue.

14 On the side of Io towards Jupiter, the current flows  
15 upward towards Io and, outside this flux tube region, the  
16 current flows downward. Now, Voyager was targeted to pass  
17 through this flux tube region on the basis that there would  
18 be no distortion of the magnetic field due to the electrical  
19 current which was flowing in the flux tube, itself.

20 As it has turned out, a very large current, in fact,  
21 was flowing at the time we passed through this region, and  
22 this led to distortion of the flux tube in the vicinity of  
23 both Io and especially in the vicinity of the Voyager 1 space-  
24 craft.

25 So, we believe we did not pass through the flux tube

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1330 VERMONT AVENUE, NW

WASHINGTON, D.C. 20005

1 as originally planned, although we did detect the effects of  
2 the induced currents which flow. The currents which flow are  
3 very large. They are approximately 4 to 6 million amperes.

4 The power generated in this system is 10 to the 12th  
5 watts -- that's a mega-megawatt. It is continuously generated  
6 by the interaction between Io and the Jovian magnetic field.

7 It's a rather complex interaction, and I would like  
8 to spend just a little bit of time on the more technical as-  
9 pect of our data and its interpretation, since this is the  
10 first time, to my knowledge, that we have evidence for such a  
11 generation mechanism in astrophysics.

12 What we see here projected on a plane perpendicular  
13 to the average field direction in the vicinity of Io are the  
14 perturbation magnetic fields, the black vectors with arrows,  
15 shown as the spacecraft Voyager 1 passed by on the trajectory  
16 illustrated by the black dots.

17 Our interpretation of the location and configuration  
18 of the current which flows is indicated by the circle containing  
19 red and blue colored dots. The current flowing upward and  
20 downward is indicated in the same polarity definition used in  
21 the previous slide.

22 As you can see in this interpretation, the current  
23 flow occurs not in the region in which the spacecraft trajectory  
24 passed but, in fact, some 6- to 7,000 kilometers away from it.  
25 The direction in which it is removed is forward of Io and the

1 spacecraft in the sense of the direction in which Io moves.

2 But, in fact, more importantly, that is the direction in which  
3 the corotating magnetic field of Jupiter is carried past Io,  
4 since the rotation -- the orbital rate of Io is slower than  
5 the corotation period.

6 This is an important feature when one wants to  
7 determine the polarity of the current flow pattern.

8 Now, the configuration of the currents, in fact, are  
9 not parallel to the local magnetic field. There develops a  
10 rather exotic process which a few years ago, in the literature  
11 in studying the interaction of satellites moving in the earth's  
12 magnetic field, was referred to as Alfvén wings, named after  
13 the Swedish astrophysicist, Thomas Alfvén, in the light of the  
14 propagation of disturbances in a magnetized medium, in this  
15 case, the Jovian magnetosphere.

16 This diagram shows the magnetic field lines as light,  
17 broken lines, and the current flow as the solid, heavier lines  
18 showing that the current flow is not parallel to the magnetic  
19 field. The reason for this is that the disturbances cannot  
20 propagate at the speed of light.

21 They are in a magnetized medium. They are limited  
22 at the rate they can propagate a disturbance to the Alfvén  
23 speed, and this deflection of the current from the magnetic  
24 field is what is referred to as "Alfvén wings".

25 This current flow is shown leaving the field, both

1 above and below, and then being reflected off what was in a  
2 completely unanticipated aspect of the magnetosphere, the torus  
3 boundary.

4           The Alfvénic current leaks down into the ionosphere  
5 of Jupiter, as well as being reflected back into the torus,  
6 itself.

7           In summary then, and I will reverse the order, since  
8 I have just been discussing Alfvén wings, in confirming our  
9 identification of the perturbation of the magnetic field in the  
10 vicinity of Io, due to the electrodynamic interaction of Io  
11 with the magnetic field of Jupiter, we come to the conclusion  
12 that Io and the interaction represent an enormous power station  
13 generating sufficient current whose energy dissipation is  
14 adequate to heat the interior of Io by a mechanism analogous  
15 to that which toasts your bread in the toaster in the morning,  
16 resistive heating.

17           It is possible that the current flow, however, does  
18 not pass through Io itself, but only through the ionosphere of  
19 Io which is created by the energization of the gases given  
20 off by the volcanic emissions.

21           Only by joint study of magnetic field, plasma and  
22 particle data will we be able to elucidate the nature of the  
23 interaction in the immediate vicinity of Io and determine  
24 whether or not resistive Joule heating is an important factor  
25 to consider in the thermal evolution of Io, itself.



1 We will not, however, have to contend with the issue  
2 of how much power is involved. We have measured the total  
3 current which flows. We know the voltage drop across which  
4 that current flows. 10 to the 12th watts, approximately, is  
5 what is involved in this current power system, and that power  
6 is dissipated someplace within the Jovian magnetosphere. Ex-  
7 actly where is, obviously, critically important for certain  
8 mechanisms.

9 And, lastly, the magnetic tail of Jupiter, an enor-  
10 mous, large, extended magnetic field trailing behind the planet  
11 much like a cometary tail, pointing away from the sun, almost,  
12 but, in fact, away from the sun, as determined by the solar  
13 wind which comes from the sun.

14 The polar cap in the northern region at Jupiter is  
15 very eccentric and, unquestionably, is an important factor in  
16 determining the nature of radio emissions from the polar emis-  
17 sion periodicities.

18 MR. MC ROBERTS: Our next and last speaker will be  
19 Dr. Edward Stone, Project Scientist, California Institute of  
20 Technology.

21 After Dr. Stone speaks, we want the investigators  
22 to come up to the front for the interview.

23 STATEMENT OF DR. EDWARD STONE  
24 PROJECT SCIENTIST  
25 CALIFORNIA INSTITUTE OF TECHNOLOGY

DR. STONE: Just a few brief comments on some science

1 results, and then a little discussion about Voyager 2.

2 As you may recall, it was reported in March when we  
3 had our encounter activities, that the distribution of particles  
4 in the torus, as measured by the plasma instrument, indicated  
5 that there was ionized sulfur in the torus, and ionized oxygen  
6 in the torus, and that these particles were, basically, very  
7 low energy particles, which were essentially rotating with  
8 Jupiter's magnetic field.

9 Since that time, the cosmic ray instrument which,  
10 in fact, R. E. Voght is the principal investigator of, made  
11 some measurements of high energy particles, those moving with  
12 about 10 percent of the velocity of light, inside of Io's  
13 orbit -- again, just at the time when Voyager went inside the  
14 torus and was on its way back out through the flux tube. And  
15 at that time, discovered that the high energy particles also  
16 have a very anomalous composition.

17 At the bottom of this graph, you see the element  
18 number -- 6 is carbon, 8 is oxygen, 10 ion, 12 magnesium, 14  
19 is silicon, 16 is sulfur and 26 is iron. And the bottom graph,  
20 basically, shows the kind of relative abundances that one ex-  
21 pects for solar system composition; for instance, about half  
22 as much carbon as oxygen, and the appropriate amounts of even  
23 elements all the way up to iron.

24 Inside of Io, what was observed -- again, these were  
25 particles moving with about 10 percent the velocity of light,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1330 VERMONT AVENUE, NW

WASHINGTON D.C. 20005

1 so they have been somehow accelerated from the plasma which  
2 was observed there, up to fairly high velocities, and what  
3 one sees is predominantly oxygen, no evidence of any carbon  
4 whatsoever.

5 The amount of sulfur there is about 75 percent that  
6 of oxygen and, in solar system abundances, the amount of sulfur  
7 is about 2 percent as, in fact, you can see in the lower plot,  
8 and the amount of sodium is also enhanced. In this case, the  
9 sodium is about 4 percent of oxygen while, in nature, it is  
10 about 2 percent in solar system abundances.

11 Compared to carbon, of course, all three are grossly  
12 enhanced. This, of course, is -- the relative abundances here  
13 of oxygen and sulfur are certainly reminiscent of a process  
14 which may well be related to what was reported this morning --  
15 that is, that there is sulfur dioxide possibly coming out of  
16 the volcanos, that that sulfur dioxide is eventually broken  
17 down into its components of two oxygens and one sulfur each,  
18 and that there is then an additional process which is not yet  
19 understood, by which at least some fraction of those particles  
20 end up with about 10 percent the velocity of light just inside  
21 of Io's orbit.

22 The other science thing which I wanted to report has  
23 to do with what we are seeing on Voyager 2 now, in the case  
24 of atmospheric studies. As you know, Voyager 2 has already  
25 started our observatory phase. We are imaging the planet every

1 two hours, as we did with Voyager 1, and there have been a  
2 number of changes in the atmosphere since we looked at it with  
3 Voyager 1 during the observatory phase.

4 The small inset in the center is, in fact, the  
5 Voyager 1 image of Jupiter showing the great red spot and, up  
6 on the left, is the side of Jupiter which now has the great  
7 red spot. It turns out the great red spot has drifted with  
8 respect to System 3.

9 System 3, as you may recall, is the coordinate system  
10 which is locked to the magnetic field and, therefore, locked  
11 to the deeper interior of the planet. And the great red spot  
12 has, in fact, drifted to the west. In fact, one can see, if  
13 one looks in some detail, that the relative position, for in-  
14 stance, of the turbulence which one sees here, there is a  
15 source of a lot of material which, essentially, provides the  
16 tracers which allows one to image the turbulence which is  
17 going on here.

18 If you look on this image, you will see that, in fact,  
19 the turbulence and the great red spot have separated. The  
20 source of the material which makes this turbulence apparent  
21 has shifted to the east, or the great red spot has shifted to  
22 the west.

23 And, in fact, as we go around the limb of the planet  
24 a ways, we find that the source of material which allows one  
25 to see the turbulence is now, if you like, around the limb from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1330 VERMONT AVENUE, NW

WASHINGTON, D.C. 20005

1 the great red spot, so that the great red spot and its turbu-  
2 lence source, which were apparently at the same System 3 longi-  
3 tude, essentially, have moved in opposite directions and now  
4 no longer appear on the same side of the planet.

5 The other thing, of course, one can see that it is  
6 particular -- here, one has these brown spots which, as you  
7 may remember, are clockwise anticyclones. You will notice  
8 that they are not here in this image. They are on Jupiter;  
9 they just happen to be, again, on the other side from the great  
10 red spot.

11 Another thing you may notice is that these white  
12 ovals -- there are three of these. They came into existence  
13 about 40 years ago when a white zone of clouds, essentially,  
14 broke into three pieces, and it has been contracting ever  
15 since into these three white ovals, which are more or less  
16 equally spaced -- not exactly -- around the planet.

17 And you can see that, in the case of Voyager 1, two  
18 of the three white spots are apparent here. There is a white  
19 cloud in between them. And now we see that this white spot,  
20 in fact, again, has -- well, in fact, the great red spot has  
21 actually moved in this direction, and this is the same white  
22 spot as the white oval as was apparent in Voyager 1.

23 And, of course, that changes the characteristic, some  
24 of the characteristics, that one sees around the great red  
25 spot, itself; there is no longer a white cloud deck immediately

1 below it and, therefore, there is some change in aspect.

2 So, even in this small time span of about three or  
3 four months between Voyager 1 and Voyager 2, it is clear that  
4 there has been a continued evolution of the gross features  
5 of the Jovian weather system and, clearly, Voyager 2 will then  
6 provide an extended time base for the dynamic studies which  
7 are presently under way with the Voyager 1 data set.

8 Okay. I think that those are the two things in the  
9 science area that I wanted to mention. In terms of status,  
10 Voyager 2 instruments, basically, all of the instruments pres-  
11 ently functional, normally functional. There are two where  
12 we have changed their operation to a certain extent.

13 In the case of the photopolarimeter, as in the case  
14 of Voyager 1, we will be operating that instrument only as a  
15 color photometer. In other words, we will not be operating  
16 the polarization wheel, so we will not get polarization measure-  
17 ments with the Voyager 2 photopolarimeter, only color photometry.

18 In the case of the infrared instrument, we have put  
19 it -- it is basically running at a somewhat warm condition. It  
20 does have a slow drift in its alignment and, of course, we are  
21 talking about alignments which are fractions of the wavelength  
22 of light over a period of time when it is at its operating  
23 temperature. So, we are presently running it warm, and we will  
24 switch it into its cold operating mode on June 20th, and there  
25 is -- in fact, this is a standard procedure we have adopted now,

1 and there is certainly every reason to expect that that instru-  
2 ment will perform quite well for the close approach for Jupiter,  
3 and you have heard some of the results this morning, in fact,  
4 from the Voyager 1 instrument.

5 In terms of what is new and what kinds of new and  
6 different things we might expect on Voyager 2, first of all in  
7 terms of the satellite encounters, on Voyager 1, as you recall,  
8 our satellite encounters were all after our closest approach  
9 to Jupiter. That means that we saw one particular face.

10 With Voyager 2, by design, we are encountering both  
11 Ganymede and Callisto before closest approach to Jupiter, and  
12 that allows us to look at the opposite faces at about the same  
13 high resolution as we did on Voyager 1, but the opposite faces.

14 Also, we tended to go over the north polar regions  
15 on Voyager 1. On Voyager 2 we will have a much better look  
16 at the south polar regions on those two objects. So, we will  
17 be looking at some new real estate on Ganymede and Callisto,  
18 and we do certainly know that the brightness of the different  
19 faces of those two objects is different, so one may well have  
20 still a few surprises left there.

21 In the case of Europa, of course, we did not get as  
22 close to Europa on Voyager 1 as we did the other three and, as  
23 a result, again, by design, Voyager 2 is coming much closer  
24 to Europa. Our resolution, our best resolution, will be on  
25 the order of 4 kilometers per line pair, which is very similar

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1330 VERMONT AVENUE, NW

WASHINGTON, D.C. 20005

1 to the kinds of resolution that we achieved on Ganymede and  
2 Callisto on Voyager 1, and that should allow us to have a much  
3 better idea as to what the long color streaks are that show up  
4 in Europa, whether those, indeed, are cracks in the surface, and  
5 whether or not we have indication of significant crustal  
6 stresses which could well be responsible for cracks, if that  
7 is what they are.

8           So, come July 9, we should have really a good look  
9 at Europa.

10           We have also -- you may also remember we have several  
11 occultation experiments where we look back -- where we observed  
12 the radio frequency signal as the spacecraft goes behind Jupiter.  
13 Our Voyager 1 passage was near the equator, Voyager 2 will make  
14 a passage, if you like, as viewed from earth, nearer the south  
15 pole, so we will be able to probe more of the polar atmosphere  
16 with our radio occultation experiment.

17           There are several changes we've made to the sequence.  
18 All the things I've discussed so far are more or less trajectory  
19 things which we designed several years ago. We have also, in  
20 the last several months, gone back and tried to make some modi-  
21 fications to our preplanned sequences. For instance, we are  
22 going to put in a 10-hour sequence of observations of Io's  
23 volcanic activity where we will be imaging every few minutes,  
24 taking an image every few minutes.

25           And it turns out the aspect that Io presents to the



1 spacecraft at that time is that one particular volcanic region  
2 which was observed on Voyager 2 will more or less continue to  
3 be in the field of view for that entire period of time, so it  
4 should be possible to get some indication of the nature and the  
5 time scale of any variation in volcanic activity associated  
6 with the plumes, and also associated with some of these bluer  
7 regions which Larry mentioned this morning.

8 We have also modified our sequences so that the  
9 ultraviolet investigation will spend a great deal more time  
10 investigating the emission from the torus, itself.

11 On Voyager 1, since we didn't know exactly where  
12 the best place to look was, we essentially spent our time  
13 scanning the entire system, from Callisto's orbit on the  
14 one side, out to Callisto's orbit on the other side.

15 On Voyager 2, we spend most of the time we have right  
16 in around Io's orbit where we know there is a very intense  
17 ultraviolet emission, and it will allow us to, again, assess  
18 the variability, on a short time scale, of the processes that  
19 are going on, presumably related to the combination of Io  
20 activity and the magnetospheric processes which will cause a  
21 change in that auroral intensity, in the torus intensity.

22 As I think has already been mentioned, we intend to  
23 take more images of the dark side of the planet in order to  
24 assess the extent of the auroral radiation and the visible  
25 wavelengths, and also to be able to get a better idea of the

1 distribution of lightning in the planetary atmosphere. We  
2 have a very tiny fraction of the planet captured in the  
3 Voyager 1 image, which you have all seen.

4 We are also planning to take more images of the ring.  
5 As you know, the one image we took on Voyager was carefully  
6 designed to be exactly at ring plane crossing. We will still  
7 do that again on Voyager 2, but we will also try to catch the  
8 ring when it is slightly open, so that we can have some idea  
9 of how far in the material extends.

10 All we know now is how far out it extends, so we  
11 have some additional images planned with the ring slightly  
12 open, both as we go in through the ring plane and as we come  
13 back out through the ring plane. So, hopefully, we will be  
14 able to have a better idea of whether the ring is like a  
15 Saturn's ring, which means it has a rather broad radial extent  
16 inward from the outer edge, or whether it is more like a  
17 Uranus' ring, which would have a very limited radial extent  
18 and it would be more of a ribbon around the planet.

19 I think that those are the major changes that we  
20 have made. We have also been adding some additional measure-  
21 ments for the plasmawave instrument so it can, hopefully, de-  
22 tect more lightning bolts, although it is important to recog-  
23 nize that we will not be flying through the torus on Voyager 2,  
24 and that may make it more difficult to detect the whistlers  
25 which Fred reported on Voyager 1.

1 Thank you.

2 MR. MC ROBERTS: I wonder if the investigators would  
3 come up and we will be open for Q and A. Okay. We're open  
4 for questions.

5 QUESTION: Larry, how many vents do you identify now?  
6 Do you know anything about the duration and sequence of any of  
7 the venting, how long one of them goes on, and how periodically  
8 they come on?

9 DR. SODERBLOM: Well, we have observed something  
10 like, I think it was nine at one time and now it is back to  
11 8. I think 8 is the number now, and see each of these perhaps  
12 on the average of four times.

13 So, we have something on the order of 30 observations.  
14 In each case, the plume is fully developed. In other words,  
15 it's like a continuous lawn sprinkler just standing there going  
16 off. And that means that they are not in the process of either  
17 developing or collapsing.

18 And since it takes about ten minutes to become fully  
19 developed -- in other words, for the material to rise to the  
20 highest altitude and fall back to the surface. That means that  
21 the plume, each of those plumes, had been going on for ten  
22 minutes.

23 So, that means we have something of the order of 300  
24 minutes of duration, which suggests, statistically, that they  
25 have to be active for several hours, physically.

1           Now, one I did show you, the one referred to as the  
2 "Tarantula", in the earlier image in which we looked directly  
3 down on that vent, we did not see the very dark pattern. So,  
4 that suggests a variability maybe on the order of days or less,  
5 but longer than hours.

6           MR. MC ROBERTS: Anyone else have a question?

7           QUESTION: Dr. Pearl, is there anything in the IRIS  
8 coverage that gives you an idea of the areal extent of the  
9 SO2 across the surface? Is there any way to read that out and  
10 see how far it travels from a given plume?

11          MR. PEARL: Well, our special resolution is not  
12 nearly as good as the imaging resolution. Our footprint is  
13 about 60 percent of the full narrow angle imaging frame. And  
14 the signature which I showed in the slide for SO2 is a region  
15 of the spectrum where we have, generally, very low signal.

16          It was high over the hot region simply because it  
17 was hotter than normal. Consequently, it will probably be very  
18 difficult to elaborate just what the distribution might be.

19          QUESTION: How many bluish areas have you seen?

20          DR. SODERBLOM: Well, we've only seen one where we  
21 have several images which we can demonstrate clearly that it is  
22 transient. But I'm convinced, having coupled the morphology  
23 and appearance of that one to the others on the disc, that we  
24 are seeing 30 or 40 at least.

25          It would be interesting to look to see if the IRIS

1 instrument picks up any anomalies in the regions where those  
2 things are very dense.

3 QUESTION: Dr. Ness, is it odd that the northern  
4 auroral cap, or magnetic cap, or whatever you call it, is as  
5 eccentric as it is? It seems to me that there's been some  
6 work in the last few years of the earth's northern auroral  
7 region suggesting that they are, (a), eccentric and, (b), not  
8 lined eccentric to both planets' rotation axis and magnetic  
9 axis.

10 DR. NESS: Not true. The situation in the case of  
11 the earth is that it is coaxial with both the magnetic axis  
12 and the rotation axis.

13 QUESTION: But they aren't coaxial.

14 DR. NESS: No, they aren't, but the auroral zone  
15 circles around both of them. What we do observe on the earth  
16 is that the auroral zone on the day side, as measured by  
17 particle precipitation, is at a slightly higher latitude of  
18 72 degrees when compared to the night side where the latitude  
19 drops it down to about 65 degrees.

20 So, essentially, the auroral zone is fixed in space  
21 and the earth rotates under it, in the case of the terrestrial  
22 auroral zone. On Jupiter, we believe the situation is quite  
23 different -- that is, the auroral zone is carried around with  
24 Jupiter because of the strong magnetic field and because it is  
25 so eccentric. So, the auroral zone, instead of being roughly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1330 VERMONT AVENUE, NW

WASHINGTON, D.C. 20005

1 stationary in space -- although appearing to vary, as it is  
2 on the earth -- will, in fact, vary considerably to a viewer  
3 outside the Jovian system. It will rock back and forth.

4 Because it extends down to 60 degrees latitude to  
5 about 80 degrees latitude, there will be periods of time in  
6 which, depending upon where one is observing, the auroral zone,  
7 in fact, should not be visible. It will be hidden by the  
8 planet.

9 MR. MC ROBERTS: Are there any other questions?

10 QUESTION: Dr. Scarf, at some point shortly after  
11 the encounter, I recall you mentioning that some of the, I  
12 guess, whistlers -- I was going to say "spirits", but maybe it  
13 was whistlers that had been detected -- were right near the  
14 time of that flux tube crossing, and others were not, and you  
15 were thinking about the possibility that maybe, for some  
16 mechanism I can't imagine, Io might be a likely source.

17 DR. SCARF: Well, I certainly was concerned about it  
18 because Io is so much closer to Voyager than the atmosphere of  
19 Jupiter, and also as I mentioned here but perhaps didn't men-  
20 tion as clearly as I might, all of these that we have detected  
21 so far have been in the torus region, the Io torus region, in-  
22 bound and outbound.

23 I think I am much more convinced now than I was at  
24 the time we talked about this, that they are coming from the  
25 atmosphere, because the analysis that I told you we would do

1 has been done.

2 We have compared the travel times, and the shapes,  
3 and seen if we can explain all of the characteristics by as-  
4 suming they come from the atmosphere. In fact, they not only  
5 all appear to come from the atmosphere, but from the northern  
6 hemisphere. And we can explain the difference in the disper-  
7 sions that we see on the inbound passage of the torus and on  
8 the outbound, by considering the difference in where the space-  
9 craft was with respect to the torus.

10 QUESTION: On the lightning, can you tell from how  
11 many you detected, over what period of time, to estimate the  
12 frequency of the lightning? What is your best shot right now?

13 DR. SCARF: I really hate to say a number at this  
14 point. We have a very irregular data set because the waveform  
15 data, the high rate data that we are getting here is actually  
16 coming in spurts.

17 In order for us to get some of this data, they have  
18 to stop the processing of the imaging. This is not an easy  
19 thing to do. So, we don't have a uniform distribution yet.  
20 We will be getting it soon.

21 QUESTION: I get the impression that the flux tube  
22 is turning out to be rather different from what was expected,  
23 particularly in terms of the electrical energy. If Voyager  
24 had gone through the flux tube, would it's experience have been  
25 any different?

1 DR. SCARF: Well, we discussed this as we were coming  
2 in. Norman will have a comment in a moment, but one of the  
3 things that I think we weren't prepared for was the very dense  
4 plasma in the torus. And without any other consideration of  
5 targeting, that already suggests that the interaction between  
6 Io and the ionosphere of Jupiter has to be modified because  
7 of this very dense plasma around the torus.

8 Maybe Norman would like to take over at this point.

9 DR. NESS: If we had gone through the region in which  
10 the electrical currents flow, unquestionably, we would have  
11 seen drastically different processes in action.

12 We didn't pass very far from them. We were only  
13 about 5- to 6,000 kilometers, but those large currents which  
14 flow would, unquestionably, have distorted the local plasma  
15 characteristics, energetic particles.

16 We probably would have had a chance to see the ener-  
17 getic particles which had been predicted to be accelerated by  
18 this interaction process. To the best of my knowledge, such  
19 accelerated particles have not yet been reported.

20 When you have particles accelerated far above the  
21 velocities of the adjacent environment, certain instabilities  
22 can arise generating large amplitude noise which would have  
23 been detected by the plasma science, plasma wave experiment  
24 and by the energetic particle detectors.

25 Noise in the nature of turbulence, large amplitude



1 fluctuations, this was not observed. The parameters were  
2 smoothly varied. We did not pass through the current carrying  
3 region, and we do not believe we passed through the I<sub>0</sub> flux  
4 tube, itself.

5 QUESTION: Could you have damaged the spacecraft  
6 had you passed through one of those regions?

7 DR. NESS: I don't believe so, but I can't be sure,  
8 because I don't know the nature of the charged particle environ-  
9 ment that we would have enjoyed at that time.

10 QUESTION: From a charging standpoint, was that any  
11 sort of design constraint on the spacecraft, like an active  
12 potential surface or something, for the reasons of the flux  
13 tube?

14 DR. NESS: Not especially for the flux tube. Those  
15 considerations were very important in the design of the space-  
16 craft generally simply because of the intense radiation belts  
17 and intense radiation environment, but not especially because  
18 of the flux tube.

19 QUESTION: Dr. Pearl, are there any infrared readings  
20 on the bluish areas Dr. Soderblom spoke about?

21 DR. PEARL: At this point, I don't know. I don't  
22 have the exact positions of those features, and I will have to  
23 check that.

24 QUESTION: The black and white photo that you showed  
25 at one point had a, if I didn't know what it was, a remarkably

1 Martian-looking, fluvial-looking, so on, channel at the bottom,  
2 half the width of the frame, all the way down the picture.

3 Is that a fluvial-looking feature to you?

4 DR. SODERBLOM: Fluvial-looking feature. The black  
5 and white near the terminator, filtered picture?

6 QUESTION: Yes.

7 DR. SODERBLOM: What you see there is a series of  
8 cliff scarps, and there is a couple of features which are re-  
9 lated to faulting in there, but nothing I saw that was particu-  
10 larly sinuous. There are some peculiar things in there which  
11 are these multiple layers that appear to be eroded at their  
12 escarpments in that frame, but I don't recall --

13 QUESTION: Why don't we show the slide.

14 DR. SODERBLOM: Sure. Back up about --

15 (Whereupon, the slide was shown.)

16 QUESTION: While he's looking, how many degrees  
17 west had the red spot drifted in System 3 and in what period  
18 of time, and is that an atypical thing for it to do?

19 DR. STONE: No.

20 QUESTION: What defines zero --

21 DR. STONE: Well, System 3, as I said, it's a coordi-  
22 nate system which rotates with the magnetic field and,  
23 presumably, therefore, is an important system tied deeper in  
24 the atmosphere, and I don't recall exactly where System 3 of  
25 zero is.

1           It is not unusual for the great red spot to drift,  
2 no, and I guess I should point out that the discussion which  
3 I gave was really information I got from Rita Beebe who is  
4 on the Imaging Team.

5           I can give you some numbers here. The great red spot  
6 is drifting at about 2.6 degrees per day -- these are from  
7 Rita Beebe -- that is in the westward direction, while the  
8 -- for instance, the white ovals are moving in the opposite  
9 direction, eastward, at 3.5 degrees per day.

10           And so, since it has been on the order of three to  
11 four months between the images I showed, of course, that means  
12 there is some reasonable longitudinal separation of those  
13 particular features. But, no, it is not unusual for these  
14 features to drift in System 3.

15           DR. NESS: In fact, they are supposed to because  
16 there the atmosphere, that is moving relative to, essentially,  
17 the surface of the planet. System 3 is defined by the mag-  
18 netic field which is rooted to the interior. Systems 1 and 2  
19 have to do with the motion of the surface, as seen by an ob-  
20 servor outside.

21           And if the atmosphere has any coherent longitudinal  
22 azimuthal motion, you expect there to be a drift.

23           MR. MC ROBERTS: Someone else -- Larry Soderblom  
24 wants to answer that question.

25           Larry?

1 DR. SODERBLOM: Is this what you're referring to,  
2 John?

3 That's an artifact. This is an albedo boundary from  
4 the bright region and dark region, and the computer has filtered  
5 this to try to remove the regional variations to bring out the  
6 detail.

7 Remember, Mariner 9 pictures of the south polar cap  
8 had more filter along the ice produced a black-white boundary.  
9 It's exactly the same process.

10 But one thing I did want to mention rather briefly,  
11 these layers, see the multiple layers, and off of the escarpments  
12 you see outliners, isolated patches of the material that are at  
13 the same level as these scarps but detached from them.

14 The only process that we can think of to create  
15 this is some sort of stripping process that strips the surface.  
16 And the only place that these particular kinds of erosional  
17 escarpments occur in this, so far, is near the south pole.

18 And, as a matter of fact, remember when the auroral  
19 image pointed out the series of peculiar looking things near  
20 the south pole at one time. These are they. And perhaps some  
21 sort of a polar deposit, a polar vault deposit would be the  
22 most likely explanation for the erosion question.

23 QUESTION: In the straight stride further up the  
24 picture, are they all positive --

25 DR. SODERBLOM: These kinds of things are potential

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1330 VERMONT AVENUE, NW

WASHINGTON, D.C. 20005

1 fractures that cut down through. As a matter of fact, here  
2 is a feature that is very common; in tectonics it's called  
3 a "graben", and it's due to the surface trying to increase its  
4 total area. In other words, the surface is being torn apart,  
5 so wedge-shaped fault blocks develop in order to allow the  
6 surface to expand.

7 MR. MC ROBERTS: Okay. Are there any other questions?

8 (No response.)

9 MR. MC ROBERTS: No other questions. John, why  
10 don't you get him afterwards. I think you're about the only  
11 one that's left.

12 We will end the press conference now.

13 Thank you very much.

14 (Whereupon, at 12:00 noon, the NASA news conference  
15 on the Voyager 2-Jupiter encounter was concluded.)  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25